

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA

FEDERAL ENERGY REGULATORY COMMISSION

- - - - -x  
Southern California Edison Company : Project No. 1930-090

KERN RIVER NO. 1 HYDROELECTRIC PROJECT

Request for Comments on the PAD  
and Scoping Document 1  
Public Scoping Session  
Daytime Scoping Meeting

Hilton Garden Inn  
3625 Marriot Drive  
Bakersfield, California 93308

Wednesday, August 2, 2023

The public scoping session, pursuant to notice, convened  
at 9:05 a.m.

## 1 P R O C E E D I N G S

2 MS. FEFER: Alrighty folks. Thanks so much for  
3 being here. Nice to see some familiar faces from yesterday  
4 and some new faces. I am Jess Fefer, I am the FERC Project  
5 Coordinator for this project and also environmental  
6 protection specialist in the West Branch in the Washington,  
7 DC headquarters office, focusing on outdoor environmental  
8 justice, land use and aesthetics, specifically.

9 I am accompanied by four FERC colleagues, whom I  
10 will have introduce themselves. We also have SCE folks here  
11 who are the operators and licensees for the Kern River I  
12 Project.

13 So before I get into housekeeping and today's  
14 presentation I'll just have these folks introduce themselves  
15 so I'll start with my FERC friends here.

16 MS. MACHOLETA: Hi, Shannon Macholetta, Fisheries  
17 biologist with the West Branch.

18 MS. ENG: Hi, Carli Eng with the Office of General  
19 Council. I'm an attorney on Kern River No. 3, but I'll be  
20 here to assist as necessary.

21 STEVE: My name is Steve, Civil Engineer with  
22 Kern No. 1.

23 MR. EMMERING: And I'm Quinn Emmering, I'm a  
24 Wildlife Biologist with FERC, also West Branch, Division of  
25 Hydropower Licensing.

1 MS. FEFER: All right, and then the SCE folks  
2 want to introduce yourselves real quick?

3 MR. BIANCHI: Yes, I'm Ed Bianchi with Stantec.  
4 We're an environmental consulting firm, helping Edison with  
5 the relicensing.

6 MR. KEVERLINE: I'm Dan Keverline. I'm the  
7 Operation and Maintenance Manager for the area.

8 MR. MOORE: Hello. David Moore. I'm the Project  
9 Manager for Southern California Edison for the Kern I  
10 relicensing effort.

11 MS. FEFER: All right. Thank you everyone.

12 So what to expect in our meeting today, before I  
13 get into the Agenda, just some quick housekeeping items. I  
14 think everyone has signed in. If not, make sure that you go  
15 ahead and do that. We want to keep a solid record of who  
16 made it here today.

17 We do have some coffee and water in the back, so  
18 help yourself to that at any time. Bathrooms are just out  
19 the hall here if you take a left our and then a right you  
20 will find the bathrooms. Help yourself to that anytime you  
21 need to.

22 Lastly, you'll notice that we do have a Court  
23 Reporter here so he will be transcribing the meeting to make  
24 sure that we have everything that you're saying on the  
25 record. That transcription will be uploaded to our FERC

1 eLibrary within the next two weeks or so, and now because of  
2 that when -- when any comments are made from you all we will  
3 be handing out a mic so you can speak into the mic just to  
4 be clear for the court reporter.

5           And please make sure to say your name and  
6 affiliation when you do have any comment to make during our  
7 discussion period. And I do want to note as well that this  
8 transcription that will be uploaded does not take place of  
9 public comment. So if you have something that you want on  
10 public record that you want to say about this Project, make  
11 sure to also go into eLibrary and make a comment there; and  
12 I will tell you sort of when and how to do that throughout  
13 this presentation.

14           I think that was my schpeil of what to do. So,  
15 the primary purpose of this meeting is to go through the  
16 preliminary resource issues that were identified in Scoping  
17 Document 1 that we issued on June 29 of this year, and  
18 before we do that we will go over the licensing and the  
19 scoping process so that you all know sort of where we are  
20 now, what to expect in the licensing process and you will  
21 know when to comment and what to comment about.

22           We will also go over SCE's proposal, so they'll  
23 present on what their relicensing proposal entails before we  
24 get into those relicensing issues that were identified in  
25 the scoping document, and we'll open it up for comment and

1 discussion after that.

2           And to get a bit into the licensing and scoping  
3 process, first of all I think you all know who we are but  
4 we're the Federal Energy Regulatory Commission or FERC and  
5 we're a Federal agency that regulates the interstate  
6 transmission of natural gas, oil and electricity in addition  
7 to our responsibilities such as licensing and inspecting  
8 non-Federal hydro electric projects such as Kern I.

9           As you can see, we're in the Office of Energy  
10 Projects and there are three hydro power divisions. We are  
11 the Division of hydro power licensing. Once the licensing  
12 process is complete then the licensee starts to work with  
13 the Division of Hydropower Administration and Compliance and  
14 Division of Dam Safety and Inspection throughout that  
15 license term.

16           A really broad bird's eye view of our process.  
17 I'll go into detail about it in our next slide but I wanted  
18 to give you this bird's eye view. SCE has already filed  
19 their Pre Application Document as you all know on May 5th.

20           We are currently in the scoping phase, we're at  
21 the scoping meeting. The study and consultation phase will  
22 come right after that and that's a two to three year  
23 process; and then SCE will file their relicense application  
24 due May of 2026.

25           So this is a long process, right. So the point of

1 this slide really is just to show you that we're right in  
2 the beginning and we have a long way to go and there are  
3 going to be many places for public comment and public input  
4 throughout this process.

5           To get into more detail about that here, sorry  
6 it's a little bit small. I actually do have a handout that  
7 has some of these dates on it, in the back; so feel free to  
8 take that but I just kind of want to break this down into  
9 the process.

10           So right now, as I said we are in the scoping  
11 phase. The scoping meeting is taking place today on August  
12 2nd. There is public comment for the scoping document,  
13 that's open right now and all public comments are due by  
14 September 5th so you know, we hope to hear from you  
15 eLibrary, and then FERC will respond to those comments in a  
16 scoping document 2 as needed, depending on those comments.

17           At the same time, SCE will file their proposed  
18 study plan. So this is sort of our second phase. We are  
19 going into the information gathering and consulting and  
20 studies, and you will have two opportunities to comment  
21 during that time while we're putting together the study plan  
22 determination.

23           So there will be a proposed study plan, you can  
24 comment on that. A revised study plan, you can comment on  
25 that and then FERC will issue the study plan determination

1 on March 15, 2024.

2           Next, now we're getting pretty far down the line  
3 here. The study seasons begin, right. So that's about two  
4 years where SCE will be conducting studies. In the first  
5 year they will submit an initial study report. You have the  
6 opportunity to comment on that. They will submit an updated  
7 study report. You have an opportunity to comment on that as  
8 well.

9           And then we get into actually filing the license  
10 application. So there's a preliminary license proposal that  
11 SCE will submit. You all can comment on that before they  
12 will file their license application.

13           So now we're in post-filing. This is where the  
14 dates are going to get a little bit more wonky and so I  
15 won't really go over the dates as much. We're getting pretty  
16 far away at this point, right. We're in 2026 now. But really  
17 I just wanted to point out here that this ready for  
18 environmental analysis.

19           We do have a date for it but that's at the  
20 earliest. That's going to depend on the information that we  
21 get in the application document. If we need additional  
22 information from SCE we will ask for that and depending on  
23 the amount of information we need we will give 30, 60, 90,  
24 180 days just depending for SCE to get that information to  
25 us, and then that's when we would then submit our Ready For

1 Environmental Analysis and begin the NEPA process.

2 So I just wanted to point that out to you and  
3 that during the post-filing and the environmental review you  
4 will also have two additional times to comment.

5 All right, so what are we doing here today? What  
6 is the purpose of scoping? First of all, it is a federal  
7 regulation through NEPA, right. It's also through FERC  
8 regulation but more practically, you know, we're really here  
9 to hear from you all.

10 We're here to learn. We want to understand public  
11 perspective and concerns, identify resource issues that  
12 maybe we didn't cover in Scoping Document 1, identify some  
13 reasonable alternatives, available information relevant to  
14 the project and then identify cumulatively affected  
15 resources.

16 So we're really here to talk to you guys, talk to  
17 SCE, learn some things and take that back to FERC for our  
18 environmental analysis.

19 So at this point I'm going to hand it over to SCE  
20 to go over their project proposal and then I'll come back in  
21 to talk about some of those preliminary resource issues; so  
22 hang tight while I just switch this up.

23 MR. MOORE: All right. Good morning everyone.  
24 We're just going to walk through the project description and  
25 then our proposal for the relicensing of Kern River No. I.

1           So just some overview information initially. The  
2 Project number is 1930, so that's important if you go to the  
3 eLibrary, the FERC website and you want to search for  
4 documents associated with Kern River No. I you want to put  
5 in for docket number 1930, P-1930. Okay.

6           So that's key. The current license was issued in  
7 1998. It's a 30 year license term that expires on May 31,  
8 2028. Next slide, please. The project location is on the  
9 western slope of the Sierra Nevada Mountains in Kern County.  
10 It's approximately 15 miles east of Bakersfield and the  
11 project occupies Federal lands within the Sequoia National  
12 Forest.

13           SPEAKER: Okay, so some of the project features:  
14 Democrat Dam is located about 10 miles upstream of the  
15 powerhouse. I think most of us in the room were there  
16 yesterday so you can get an idea of some of the dimensions  
17 of it. It's 58 feet tall. The crest is 204 feet long.

18           The Project is a run of the river plant, so we  
19 discussed that in a little more detail yesterday, and it is  
20 not a high hazard dam. So the impoundment area of Democrat,  
21 I think we saw both the bottom and top of that yesterday, so  
22 there's 27 surface acres there. There's no usable storage as  
23 we discussed a little bit yesterday, too.

24           We just kind of slow the water down there and  
25 divert it. And it's diverted into the structure. The flow

1 line has a capacity of 412 cfs.

2           So here are some of the features that we didn't  
3 get to see yesterday on the conveyance system and just kind  
4 of see some pictures of a flume, covered conduit there and  
5 then the forebay spillway which you probably saw from the  
6 parking lot there. It was the big silver pipe coming down  
7 the hill, and it's 8.5 miles long.

8           So there's the tailrace to the powerhouse there  
9 in the picture. Inside there's four impulse turbines. They  
10 have a total capacity of 26.3 megawatts. The tailrace as you  
11 see there, it's just a small diversion pool and it goes  
12 right into the downstream powerplant.

13           A lot of roads and trails on the flow line. We  
14 were on a few of them yesterday. We have lots of  
15 communication lines and power lines that serve those.  
16 Several gaging stations along the way that we use to measure  
17 water going past the powerhouse and into the flow lines.

18           MR. BIANCHI: I just want to talk a little bit  
19 about Project operations. Inflow to the Project is  
20 controlled by the Army Corps of Engineers at Lake Isabella  
21 and its releases are really controlled by the Kern Water  
22 master. So Edison doesn't have control over the inflow to  
23 the Project at all or storage in Isabella.

24           The amount and timing of the diversions is a  
25 function of water releases from Isabella, water rights.

1 Edison has pre-1914 water rights, flowline capacities and  
2 powerhouse capacity.

3 I think Dan mentioned that the power or the  
4 intakes have a combined capacity of about 412 cfs which  
5 matches the water rights and it also has minimum flow  
6 requirements so not only do we have to abide by the water  
7 rights but we also have to make sure minimum flows are met  
8 through operation of the Project and from June to September  
9 30th, it's a 50cfs minimum in stream flow or whatever is  
10 less, whatever is coming in. Or October 1st through May 31st  
11 it's 15cfs. That's the minimum flows.

12 I stood up here so I could talk a little bit  
13 about these curves because their too hard to sit there. So I  
14 want to talk a little bit about exceedances; that is in the  
15 chapter of the PAD. You'll see in the hydrology sections, we  
16 have this figure in a more detailed description of  
17 hydrology.

18 So the upper curve with the dark blue line,  
19 that's 90 percent exceedance so that means 90 percent of the  
20 time flows are at or lower than that flow so only 10 percent  
21 of the time is it above those flows. So the blue line is  
22 inflow into the Project and the dotted blue line is below  
23 the diversion.

24 So the differential there is that's what Edison  
25 would be taking out. And like I said, it's a maximum 412

1 cfs, recognizing that you always have to meet the minimum  
2 stream flow requirement.

3           So that's a wet year. I think flows last --  
4 yesterday -- were they about 3600?

5           SPEAKER: Yes.

6           SPEAKER: So they were you know, representative of  
7 a wetter year. Obviously I think flows got over 7,000 didn't  
8 they this year? So this was a very extreme, I'd say it's  
9 probably in the top 10 percent if not the max seen in the  
10 Project.

11           So that's a wet year. The red line is 50 percent  
12 exceeded so it's kind of average what goes out there. If  
13 anybody works out in the field, you know there's never  
14 average. There's dry years and typically wet years, but  
15 that's average conditions out there and again you'll see  
16 that the flows get up to about 1200, 1500 max and the dotted  
17 line is what is below the diversion so the differential  
18 again is what's going through the intakes and going through  
19 the powerhouse.

20           One of the things I want to point out in terms of  
21 the hydrograph. You see there's a shift in the hydrograph?  
22 Typically you would have really spring high runoff and you  
23 have the peak flows would be a little bit to the left.  
24 April-May, maybe June.

25           These are shifted to the right and that's because

1 of the storage in Lake Isabella and the reason they do that  
2 -- if they do it for flood control but really it's an  
3 irrigation project. I mean, that's how they provide  
4 irrigation water down to lower, into Bakersfield. So they  
5 store the water as it comes in during the spring and then  
6 release it during the summer.

7           So that's why you see higher flows during the  
8 summer. It's really dictated by irrigation needs down in the  
9 valley, and then in the lower blue line or the lighter blue  
10 line that's a 10 percent exceeded so 10 percent of the time  
11 the flows are that or lower, 90 percent of the times they  
12 are higher than that, so that's an extreme dry year  
13 condition.

14           And there again you can see the influence of the  
15 project is greater in a drier year because they have the  
16 capacity to take water to their intake where if you look at  
17 a wetter year, they are still taking it -- water out of the  
18 project but in comparison it's a smaller percentage of the  
19 water. Next slide.

20           So project maintenance.

21           MR. KEVERLINE: Well, I can do it.

22           SPEAKER: Go ahead and do it, Dan.

23           MR. KEVERLINE: So these are just kind of some  
24 high-level examples of what we do to maintain the Project on  
25 a day-to-day basis. I won't read them all to you but you

1 know, you've got to do maintenance to keep the Project in  
2 operation so we have, you know, a bunch of crews from  
3 machinists, mechanics, operators, civil guys that do outside  
4 maintenance, electricians that take care of all of that day-  
5 to-day stuff.

6 SPEAKER: I'll just do the next slide. So there's,  
7 in terms of the proposed project, there's no new changes to  
8 the infrastructure being proposed. There's no changes to  
9 Project operations that are being proposed. No construction.  
10 It's really the continued operation and maintenance of the  
11 project.

12 A couple of changes that will occur is FERC  
13 project boundaries will be modified if needed to include  
14 facilities that are necessary for project operation and  
15 maintenance and will also -- so we did note when we did the  
16 PAD. We identified that there are a few project trails for  
17 sure that are not in the FERC project boundary and we're  
18 going to add those to the FERC project boundary.

19 In our studies though, we're studying them as if  
20 they were project facilities because we know ultimately  
21 that's where they'll end up and then we'll exclude any land  
22 that's not necessary for operations of the project.

23 Another change, the existing maintenance  
24 activities will not change with the exception of veg  
25 management and for veg management there will be a proposal

1 to apply herbicides to the project trails including new  
2 trails added to the FERC project boundaries.

3           So they already do apply herbicides and within  
4 the FERC project boundary. But we wanted to make sure that  
5 the trails that are added to the FERC project boundary,  
6 we've also analyzed those and that will be proposed for  
7 application of herbicides in the future and then apply  
8 herbicides in the forebay perimeter fence, three feet  
9 outside the perimeter fence.

10           That's another thing that will be added to the  
11 project. Otherwise it's pretty much status quo and then our  
12 studies will see if there's any potential effects associated  
13 with routine operation and maintenance of the project. And  
14 then we will go forward.

15           MR. EMMERING: I've got a quick question. This is  
16 Quinn Emmering, FERC. What's the goal of applying the  
17 herbicide to the surface of all the trails? What are you all  
18 trying to control.

19           MR. KIMBERLINE: So it's, kind of the root of it  
20 is employee safety on the trails. They really grow up pretty  
21 tall in that area. They're steep. So they have, so they can  
22 see the trail bed. They can walk on it safely. They can see  
23 if there are you know, snakes in the area that they don't  
24 want to step on.

25           A lot of it also has to do with fire protection.

1 We've worked with the Forest Service a little bit and they  
2 use those trails during firefighting activities and they use  
3 then for fire lines as well. Just to kind of you know,  
4 stronghold areas. Around the forebay that's kind of part of  
5 the fire-hardening program that we have going on throughout  
6 SCE.

7           Where there's electric equipment up there so we  
8 want to give, you know, the biggest buffer we can. And it's  
9 definitely you know, to be honest, it's a cost savings for  
10 us too because we do it manually now.

11           So we have you know, crews of four or five guys  
12 that spend two or three months clearing all of those trails  
13 by hand, so you know a couple of guys could go through  
14 there, spray herbicide and just do kind of a final tune up  
15 after they see how it reacts.

16           MR. EMMERING: So you're using glysohate?

17           MR. KIMBERLINE: I don't want to answer that. I'm  
18 not sure. We could get back to you on that.

19           MR. EMMERING: Sure.

20           MS. FEFER: All right. Thank you, SCE. Another  
21 question?

22           FERC: Yes, FERC engineer. I have some questions  
23 about the proposed maintenance on the control. You say that  
24 you're going to be doing some diversion control maintenance  
25 at the dam. Now at the forebay, I've noticed yesterday that

1 there is a netting on this high slope and that does not seem  
2 to be within the project boundary.

3 MR. KIMBERLINE: Right, yeah so that is part of  
4 the  
5 -- what used to be the PG&E bound facility across the river  
6 from us but we didn't have anything to do with that, that  
7 project. They put that up there to stop/catch rocks from  
8 coming down and damaging their intake structure.

9 SPEAKER: So it's not part of this FERC project.  
10 It's a different FERC project. It's Kern Canyon. So in this  
11 project the powerhouse is in the project and then the  
12 tailrace goes right in to the impoundment that the dam there  
13 impounds so none of that is part of this FERC relicensing.  
14 It's all a part of Kern Canyon.

15 MS. FEFER: Yes, I'm going to actually have you  
16 use a mic just so that we capture you. You're fine. You're  
17 fine.

18 MR. OROZCO: USDA Forest Service. Just when you  
19 acquire the license application I'm sure that you'll be  
20 following the USDA Forest Plan in regard to Sequoia National  
21 -- sorry, Sequoia Forest Service and Management Plan -- in  
22 compliance?

23 MR. KEVERLINE: Yes, we work really closely with  
24 them. We have one of our representatives that has monthly  
25 meetings with the forest to make sure that we're using the

1 right product.

2 SPEAKER: Excellent. Thank you.

3 MR. IRWINS: Hello. I never met a mic I couldn't  
4 speak to. I would speak strongly against the herbicides.  
5 Last thing that river needs is pesticides, herbicides,  
6 anything going into it. You know, so I don't know why you  
7 would do that. Just I think it's really dangerous stuff for  
8 the river.

9 I'm Jimmy Irwins and I'm with the Kern River and  
10 Fly Fishing Society. We're concerned about what's in the  
11 river and we'll save some wildlife and the river. Thank you.

12

13 MS. FEFER: Anyone else?

14 MR. LONG: Jared Long, State Water Board. So two  
15 very big questions. So on the previous slide, the hydrology.  
16 In a high water year in the winter, it looks like the Kern I  
17 isn't taking in much water as it could on 400 cfs. Think the  
18 November to January time frame. Would you mind, I'm not  
19 local so I'm not familiar with the weather.

20 Is that weather related or something else?

21 MR. KEVERLINE: A lot of -- like Ed mentioned,  
22 the releases are not really controlled by what we need at  
23 the plant so there -- I'm not you know that closely in tune  
24 in the Ag Industry to know, but I think that there's a crop  
25 that they're watering more at a certain time that they need

1 those releases, so it might be the opposite of what you  
2 asked but it's most --most of it, it's all controlled by you  
3 know, as need.

4 MR. LONG: Right.

5 MR. KEVERLINE: So you know, we're kind of at the  
6 nature of what downstream water users require for that time  
7 of year.

8 MR. LONG: Understood and then sort of related.  
9 How far in advance do you know the release? Like how far in  
10 advance is it scheduled if you know the answer to that  
11 question?

12 MR. KEVERLINE: So we do get a release schedule  
13 about once a month, every two months from the city that's --  
14 we kind of joke that it's accurate the day that it comes  
15 out and then everything kind of goes crazy for a month. They  
16 true those numbers up and then fix everything that was you  
17 know, kind of sideways for the month and then reissue  
18 another release schedule for the next month.

19 So we get a general idea of what, what the need  
20 is, depending on the year, they like to -- they call it "put  
21 a hole in the lake" for the runoff to come down so that  
22 might be times where we see more releases where they're  
23 trying to draw down so it should be higher releases when it  
24 should be lower, so the inflow is not really matching the  
25 outflow, which they call 'powerflow' in their industry.

1           So there's just a lot of interesting nuances  
2 where it's your run of the river plant that has you know, a  
3 big reservoir upstream of you but the releases aren't really  
4 you know the same as they would be without that impoundment.

5           MR. LONG: Thank you.

6           MS. FEFER: Any other comments or questions for  
7 SCE?

8           Okay, so bear with me here we will bring back up.  
9 All right so, now we are in the part of the meeting where we  
10 will kind of go over the preliminary resource issues that  
11 were identified based on the PAD in scoping document 1 that  
12 was issued on June 29th of this year.

13           This is just sort of a list of the categories of  
14 the issues so I won't go through and read all of those but I  
15 will get into a little bit more detail about each of them.

16           So Geology and Soils Resources. Sorry if this  
17 just feels like I'm reading off the top, because that's  
18 exactly what's about to happen. So we're looking at effects  
19 of continued project operation on turbidity and suspended  
20 sediment loads, potential effect of vein corrosion within  
21 the bypass reach, effects of hill slope within the bypass  
22 reach, and potential effects of sediment movement on or  
23 within the project shorelines and streambanks along the  
24 Democrat Impoundment.

25           This is exactly what's written in the scoping

1 document one. Do we have any comments or anything that you  
2 would like to add?

3           And we'll have time for comments in the end so  
4 think of something as I go through this. Don't worry, there  
5 will be a moment.

6           Water resources. We're looking at effects of  
7 continued project operation on hydrology of the lower Kern  
8 River in the Project bypass reach and downstream of the  
9 powerhouse and then affects of continued project operation  
10 on water quality in the bypass reach and downstream of the  
11 powerhouse.

12           Feel free to just speak up if you have any  
13 comments as I am going through these, all right.

14           Aquatic resources; effects of continued project  
15 operation on fish habitat and fish resources in the  
16 project's impoundment, bypass reach and downstream of the  
17 powerhouse. Effects of continued project operation on  
18 Western pearl shell mussel in the project area and effects  
19 of project water diversions and in stream flow on fish  
20 habitat in the project bypass reach.

21           MR. ERRANS: Jim Errans from Fly Fishers. If we're  
22 going to have a fishery below that den we have to have  
23 constantly flowing water so I would think the water master  
24 has control and you guys have to work on something with the  
25 water master.

1           On another project on the dam you control a part  
2 but we're not going there with this discussion, but you get  
3 and -- that used to be a bass fishery below the dam. We all  
4 know that. Until you flushed out the sediment that killed  
5 all the bass and I don't know if the Department is going to  
6 restock that fishery below the dam or not because of the of  
7 hard-head fish species below the dam that would prevent  
8 restocking but you know, people from Bakersfield used to --  
9 fisherman particularly -- go out there to fish for bass.

10           So if you're going to do that we're going to have  
11 to have a constant flow so I don't buy this stuff about you  
12 haven't gotten power with the water master. I mean, you  
13 should get involved with the water master and figure it out.  
14 I mean, there's enough water up there for years now and I  
15 would think part of the requirements is a constant flow of  
16 water.

17           That's my opinion from a fishing point of view.  
18 Thank you.

19           MS. FEFER: Any other comments on aquatic  
20 resources. More aquatic resources, sorry. Effects of fish  
21 entrainment on Democrat Dam on fish resources and effects of  
22 Democrat Dam on upstream and downstream passage.

23           All right, terrestrial So effects of continued  
24 operation and maintenance of the project including use of  
25 project roads and trails that could potentially introduce

1 and spread nonnative invasive plant species including the  
2 potential effects of invasive plants and native plant  
3 communities, special status species and wildlife habitat.

4           Effects of continued operation and maintenance  
5 that could potentially promote suitable conditions for the  
6 spread of nonnative invasive wildlife species, including the  
7 American bullfrog, Asian Clam and crayfish species and their  
8 potential effects on native aquatic, semi-aquatic and  
9 terrestrial wildlife.

10           Effects of the timing and magnitude of flows  
11 resulting from continued operation of the project and  
12 project maintenance activities on wetlands and riparian  
13 habitat along the Kern River including the bypass reach.

14           Effects of continued operation and maintenance  
15 activities including vegetation management, herbicide use on  
16 native vegetation and wildlife, plant species and the  
17 special status species identified in the PAD, including the  
18 Sequoia National Forest of conservation concern and nesting  
19 migratory bird species.

20           Effects of project facilities that present  
21 potential entrapment, hazards to wildlife including open air  
22 flumes and then effects of continued project operation and -  
23 - oh wait. I'm getting ahead of myself. Any comments on  
24 terrestrial resources?

25           So threatened and endangered species, effects of

1 continued project operation and maintenance activities on  
2 species designated as Federally threatened, endangered, or  
3 proposed or candidates for listing and designated critical  
4 habitat proposed and final under the Endangered Species Act  
5 and here is a list of species under ESA. I won't read all  
6 this out. Any comments on threatened and endangered species?

7 All right. Recreation resources. Look at effects  
8 of continued project operation and maintenance on the  
9 recreation resources, adequacy of existing recreation  
10 facilities to meet current and future recreation and demand  
11 and effects of project operation and maintenance on effects  
12 of white water use and boating use in the project bypass  
13 reach. Any comments on recreation?

14 Okay, land use and aesthetics. Effects of  
15 continued operation and maintenance on land use, effects of  
16 continued operation and maintenance on the aesthetic quality  
17 of the project area. So visual resources there. Any comments  
18 on those?

19 Cultural and tribal resources. Effects of  
20 continued operation and maintenance on historic or  
21 archeological resources and traditional cultural properties  
22 that may be eligible for inclusion in the National Register  
23 of Historic Places or in other areas or places of religious,  
24 cultural, and traditional importance to Indian tribes. Any  
25 comments?

1 All right. Two more to go. Socioeconomics.  
2 Effects of continued project operation and flow diversions  
3 on agriculture and other consumption uses in the North Fork  
4 Kern River Watershed. Effects in any reduction in the amount  
5 of water available for irrigation on agricultural production  
6 in Kern County and effects of any reduction in the amount of  
7 water available for future water supply deliveries for the  
8 city of Bakersfield.

9 Environmental justice. Effects of project  
10 operation and maintenance that are identified in  
11 environmental justice communities. As I mentioned earlier,  
12 we also identified cumulative effects. Cumulative effects is  
13 the impact on the environment that results from incremental  
14 impacted action when added to other past, present or  
15 foreseeable future actions.

16 You know, so one entity might take an action that  
17 might not be that big of a deal but with all of the actions  
18 taken prior and all the actions that will be taken in the  
19 foreseeable future, we want to analyze that and so we've  
20 identified water and aquatic resources that could be  
21 cumulatively affected by the continued operation and  
22 maintenance of the Kern River I Project. Any thoughts or  
23 comments on those?

24 Okay, so those are the resource issues that were  
25 identified in scoping document I. You all have access to

1 that information as well. So what we're sort of requesting  
2 from you all if you'd like to comment in eLibrary is you  
3 know, in our FC1 we have a list of comprehensive plans on  
4 file with the Commission that are relevant to the Kern River  
5 I Project.

6 As part of the scoping, we request that agencies  
7 review the list and file a new or updated comprehensive  
8 plans using instructions that are the scoping document 1.  
9 Something to think about.

10 We also ask that any agency that wishes to be  
11 added to the official mailing list do so and there are  
12 instructions for that in the scoping document as well and  
13 then any of course significant environmental issues that  
14 should be addressed in the EA is what we'd love to hear  
15 about.

16 Now how do you do that? I talked about eLibrary  
17 and commenting. So obviously this QR code probably isn't  
18 going to work very well for you, you might be too far away  
19 but we have this printed on a handout in the back so you can  
20 use the QR code to really easily get to where you can leave  
21 public comments.

22 And so we've gone through sort of the date that  
23 those are due but you can leave a public comment at any time  
24 though so you can go into eLibrary and you can file  
25 comments. You can also subscribe to the project using that

1 P-1930 that David talked about so that you can get updates  
2 automatically in your email related to any filings or  
3 issuances.

4 And then eLibrary, if you're not subscribed you  
5 can always go into eLibrary and look at all past issuances  
6 that you're interested in using this docket number that I  
7 have on the screen here and also on the handout in the back.  
8 That also has an upcoming comment dates so that might be  
9 helpful to grab.

10 So again, this is a reminder the most upcoming  
11 comment period, those comments are due on September 5th.  
12 Technically I think it's September 2nd but it falls on a  
13 weekend so we're pushing it to September 5th. So just keep  
14 that in mind. We'd love to hear from you.

15 And then the next comment period. I'll just  
16 remind you. I know I already sort of went through the study  
17 process but I just wanted to highlight this again is that,  
18 you know, the next step after this scoping is going to be  
19 getting into those sort of research study plans and so  
20 you'll have, it won't be until next year but you'll be able  
21 to comment on those proposals as they come out and then the  
22 study plan determination should occur on March 15th of next  
23 year. So you'll have two different times that you can  
24 comment on that.

25 MR. EMMERING: When is the -- this is Quinn

1 Emmering, FERC. When is the meeting again? Do we know?

2 Anybody know off the top of their head? So there's the study  
3 plan meeting?

4 MS. FEFER: Yes. I don't know off the top of my  
5 head.

6 SPEAKER: I think it's -- it's in the --

7 MS. FEFER: Oh, it was.

8 SPEAKER: It will be after October 17th. I think  
9 it's after -- a month after or so.

10 MS. FEFER: Should I go for it?

11 SPEAKER: Yes, that's fine. Just want to make sure  
12 that you highlight that.

13 MS. FEFER: I don't think I put it in that one.

14 SPEAKER: Well I'll look it up.

15 MS. FEFER: Yes, I don't have that off the top of  
16 my head but it was between when the proposal comes out and  
17 when you're commenting there will be a meeting.

18 SPEAKER: Could you clarify to the group study  
19 requests and when they're due and the format that they  
20 should be received?

21 MS. FEFER: Yes, that is an excellent -- whatever  
22 it's called--

23 SPEAKER: Segue.

24 MS. FEFER: Segue. Thank you. Yes, so the  
25 relicensing studies we will be sort of requesting along with

1 the scoping documents for any comments for SD1 that you also  
2 put in any requests for study and those, any information or  
3 study request must contain what's listed on this slide and  
4 then the next slide and again those comments and study  
5 requests are due September 5th.

6           What we need in the study requests. Some of these  
7 are really straightforward. Some of these folks tend to have  
8 you know less of an easy time with so I will read these  
9 through to highlight really the ones that you should focus  
10 on in terms of folks sometimes have a hard time with and  
11 then we have to go back.

12           So describe the goals and objective of each study  
13 proposal and the information to be obtained. That's pretty  
14 straightforward. If applicable please explain the relevant  
15 resource management goals of the agencies or Indian tribes  
16 of jurisdiction over the resource to be studied.

17           If you're commenting and you're not a resource  
18 agency, explain any relevant public interest consideration  
19 in regard to the proposed study.

20           Number 4 is an important one but sometimes gets  
21 looked over. Describe existing information concerning the  
22 subject of the study proposal and the need for additional  
23 information. So if you want a study to be done, we need to  
24 see that there isn't that information. Where is that  
25 information gap and why do you need that information?

1           Additionally, we need to see and we need you to  
2 explain any nexus between project operation and effects on  
3 the resource to be studied and how the study results would  
4 inform the development of the license requirements.

5           Number 6 is also an important one that we need  
6 some detail about that sometimes gets brushed over where we  
7 want you to explain any proposed study methodology. How do  
8 you want SCE to conduct this study? And let's see. So this  
9 would include any data collection analysis techniques or  
10 objectively fortified information and schedule, including an  
11 appropriate duration.

12           And of course the methods -- the methods need to  
13 be consistent with general scientific practice. Okay, we do  
14 want you to put in how do you want this study to be done.  
15 And then describe considerations of level of effort and  
16 cost. So this is something else that sometimes gets looked  
17 over. So be sure to give us that. What will this entail in  
18 terms of effort and cost?

19           So that's the study criteria that we're looking  
20 for. That would be due with the scoping comments in  
21 September. And that is the end of our presentation and so  
22 now we can just open it up to any additional comments or  
23 questions.

24           MR. ERANS: I'm back again, thank you. I'm Jim  
25 Erans with Kern River Fly Fishers. So one of the things that

1 I would like SCE to tell us is the cost/benefit analysis of  
2 all of this.

3 If I'm right and what you told me is right, this  
4 project provides electricity to 1,000 units so you've got  
5 millions of dollars tied up in this dam and all luck, right.

6 So what does it really cost to produce whatever  
7 it is -- megawatt, whatever unit it is and is it really  
8 worth it to have that dam do it? So I think that's a  
9 fundamental question that I would ask in any project. So,  
10 are we getting our money's worth is basically the question  
11 right?

12 So the other thing about the flows, you know  
13 there's a lot of sensitivity and the people in Bakersfield  
14 continue to flow the water through Bakersfield so you all  
15 down by the water today, there's a lot of water. You know we  
16 saw a lot of water yesterday. You can actually catch fish by  
17 the river in Bakersfield today. We have one of our members  
18 who went out and got a photo of him catching a fish.

19 Wouldn't that be nice if the people of  
20 Bakersfield were able to do that every day? But you have to  
21 have a continued flow of water. So the impact of the dam on  
22 that continued flow needs to be talked about. You know, the  
23 sensitivity and making it better or whatever. I wish more  
24 people were here to talk about it but you know, they're not  
25 here in the morning. There's work, etc. And they don't like

1 to go to these meetings, I guess.

2           Anyway so that's a couple of them, cost benefit,  
3 minimum flow and who really controls it all is one thing. I  
4 don't think I have much of anything else but I, one thing  
5 that I'd like to do is thank everybody that's here from SCE,  
6 from FERC and the people in the audience, you know.

7           This is kind of the way to do things. I've been  
8 doing this for a while, find out that we can never agree  
9 about anything. Or some things you do but it's important to  
10 walk away with some type of mutual decision so we will come  
11 to that.

12           Thanks to everybody for taking the trip, SCE for  
13 providing information. Other people in the audience who are  
14 interested in this. It's an important thing.

15           Conservation is an important thing. It really is  
16 so you've got to conserve all of these things. So the older  
17 you get the more you appreciate what we have so I think  
18 that's the goal. What can we really do to make this a better  
19 place? Well thanks.

20           MS. CARTER: My name is Lea Carter and I represent  
21 the Kern Gateway Trail Committee and our goal is to develop  
22 a hiking trail for public use from the mountain to the  
23 canyon to Democrat Dam.

24           And we're hoping that during this scoping process  
25 and site review that we can include the possibility in

1 developing the trail. What the feasibility of that should  
2 be.

3 MS. FEFER: Any more questions?

4 MR. MOORE: Yes, I have a clarification. David  
5 Moore with Southern California Edison. To answer your  
6 question, Quinn, in the Appendix A of the PAD which has the  
7 relicensing schedule we have the initial study plan meeting  
8 scheduled for December 13th so around probably the beginning  
9 of December.

10 MR. EMMERING: Okay. December 13th.

11 MS. FEFER: Okay. Thank you.

12 MR. EMMERING: Is that still tentative? Because I  
13 know we had a little wiggle room. Okay.

14 MR. BIANCHI: Let me clarify. Appendix A of the  
15 PAD schedule has been superseded by the scoping document  
16 schedule. We did the schedule based on license expiration  
17 and really submittal of the PAD at the regulatory deadline  
18 which was May 31st.

19 FERC went and looked at it and based upon when  
20 the submittal of the PAD which was May 5th so everything's  
21 been moved up a little bit so I suggest you go to scoping  
22 document 1 and see if it's in there, the date of the meeting  
23 and if not we can clarify that. But don't -- don't use our  
24 PAD Appendix A as the reference for the dates.

25 We will go to FERC scoping document 1. Because

1 that also changed the time when we were going to -- comments  
2 were submitted. They were like at the end of September. Now  
3 they're September 5th so we want to make sure to use FERC's  
4 scoping document and we'll adjust our -- our schedule  
5 obviously based upon that.

6 Sorry, David.

7 MR. MOORE: No, that's fine so it does say in our  
8 schedule in Appendix A that the meeting will be held no  
9 later than 30 days after deadline date for filing the  
10 proposed study plan.

11 MS. HENRY: Hi. Lois Henry with SJV Water. I was  
12 just wondering, I came in late. Sorry.

13 MR. EMMERING: I'm sorry, this is Quinn with  
14 FERC. S -- what?

15 MS. HENRY: SJV Water.

16 MR. EMMERING: What does that stand for?

17 MS. HENRY: San Joaquin Valley.

18 MR. EMMERING: Okay, thank you.

19 MS. HENRY: I'm not a very creative person. I  
20 write about water in San Joaquin Valley.

21 MR. EMMERING: Just for the record, that's all.

22 MS. HENRY: It's an online news publication. SJV  
23 Water.org. So I came in late so I'm wondering if I can get a  
24 copy of the slides. You've probably already covered that. I  
25 also need your names, hopefully it's this card with your

1 names and titles.

2           And also I was wondering if you did sort of a  
3 just a where does KR1 fit into the matrix of Southern  
4 California Edison's Power portfolio. Like how much does it  
5 produce? How does it rank in comparison with the other  
6 sources that SCE produces and where does the power go?

7           MR. KEVERLINE: Okay, I'll work backwards because  
8 that's the one I know I'll remember. So it generates about a  
9 little over 26 megawatts, which we talked about yesterday.  
10 That's about 26,000 homes from, this is kind of old data,  
11 the 26,000, \$1,000 -- or 1,000 homes per megawatt was kind  
12 of a rule of thumb.

13           MS. FEFER: 26,000 megawatts per year?

14           MR. KEVERLINE: No, so total megawatt hours per  
15 year I wouldn't be able to figure that out for you. We could  
16 probably draw some information somewhere that might be in  
17 the --

18           MR. BIANCHI: I think it's in the PAD if I have  
19 the right scale. I think it's 117,000 is the low up to 346 -  
20 - don't quote me on that but 346,000 megawatt hours.

21           MR. MOORE: That information is in the pre  
22 application document.

23           SPEAKER: I can provide specific numbers.

24           MR. MOORE: Total generation from 2018 to 2022  
25 ranged from 119,548 megawatt hours to 173,613 megawatt

1 hours.

2 MS. FEFER: Okay, 2018 to 2022.

3 SPEAKER: 22.

4 MS. FEFER: 119K to 173K?

5 SPEAKER: Yes.

6 MS. FEFER: MWH?

7 MS. HENRY: Wonderful. Thank you.

8 MS. FEFER: And in terms of -- I can get you the  
9 slides but also you want to look over scoping document I and  
10 that has a lot of information as do the slides.

11 MR. KEVERLINE: Then you had a question on the  
12 ranking in our portfolio of all of SCE. So hydro-wise, Kern  
13 I Project is considered a medium hydro.

14 So you have Big Creek -- are you familiar with  
15 the Big Creek System? So you have Big Creek, Fair Leaf --  
16 that's large hydro; Kern I, Kern III medium hydro and then  
17 you would roll down to like the Kuwea Projects. The Three  
18 River Projects, those are small hydro.

19 We do an internal ranking of our portfolios  
20 against other generators so it would be like PG&E and Ips,  
21 Kern I historically ranks in the first quartile among our  
22 peers and ourselves so it's a beneficial project to SCE for  
23 sure.

24 SPEAKER: Where does the tower go?

25 MR. KEVERLINE: It goes into the grid, so the

1 grid is you know, everything. It leaves that project and  
2 goes to -- the lines travel to you know the Tahachabe area  
3 and then down you know the lower central valley where it can  
4 be distributed everywhere, wherever the power is needed.

5 We essentially send it out into the lines and  
6 then grid control dictates where that power is needed each  
7 day. So it could go to any of the homes in the Kern to, even  
8 down into L.A. if needed.

9 SPEAKER: Thank you.

10 MS. FEFER: Are there any questions? Comments?

11 MR. MOORE: I'll just add, another resource that's  
12 available is our relicensing website for Kern I and it's at  
13 [www.SCE.com/KR1](http://www.SCE.com/KR1) and at that site we have overview  
14 information about the process. There is a link that you can  
15 click and be registered for our contact list so when we do  
16 email distributions you will be sent an email regarding  
17 upcoming meetings and so forth.

18 There's also a link to the FERC eLibrary where  
19 you can register to be notified for issuance -- submittal  
20 and issuances associated with the Kern I Project.

21 MS. FEFER: Anything else?

22 MR. EMMERING: This is Quinn Emmering with FERC.  
23 The scoping document 1 has the study planning meeting listed  
24 for November 16th, a Thursday but that might, it could be  
25 earlier.

1           That's kind of in there and it's SCE's decision  
2 to schedule.

3           MS. FEFER: Other comments, questions? Okay well,  
4 hearing none, thank you very much for coming and your  
5 interest in this project. This is, you know very helpful for  
6 FERC and for SCE as we're moving forward and definitely you  
7 know get those comments on the public record for the  
8 eLibrary which again we have the QR code and the handout to  
9 make it super easy to access that along with the most  
10 upcoming comment dates.

11           We also have some additional handouts in the  
12 back. Also I think for you that mosied in a little bit late,  
13 don't forget to sign into the sign-in sheet in the back,  
14 because we want to make sure that we have a record of who  
15 was here.

16           All right, so thank you so much for coming and  
17 very good to meet y'all.

18

19           [Thereupon, at 10:03 a.m., the scoping meeting  
20 concluded.]

21

22

23

24

25

## 1 CERTIFICATE OF OFFICIAL REPORTER

2

3 This is to certify that the attached proceeding

4 before the FEDERAL ENERGY REGULATORY COMMISSION in the

5 Matter of:

6 Name of Proceeding:

7 Southern California Edison Company

8

9

10

11

12

13

14 Project No. 1930-090

15 Place: Bakersfield, California

16 Date: Wednesday, August 2, 2023

17 was held as herein appears, and that this is the original

18 transcript thereof for the file of the Federal Energy

19 Regulatory Commission, and is a full correct transcription

20 of the proceedings.

21

22

23 Dan Hawkins

24 Official Reporter

25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA

FEDERAL ENERGY REGULATORY COMMISSION

- - - - - x

Southern California Edison Company : Project No. 1930-090

- - - - - -x

KERN RIVER NO. 1 HYDROELECTRIC PROJECT

Request for Comments on the PAD  
and Scoping Document 1  
Public Scoping Session  
Evening Scoping Meeting

Hilton Garden Inn  
3625 Marriot Drive  
Bakersfield, California 93308

Wednesday, August 2, 2023

The public scoping session, pursuant to notice, convened  
at 6 p.m.

1 P R O C E E D I N G S

2 MS. FEFER: So welcome back to those of you who  
3 are back here this morning and welcome. So we are here as  
4 you know for the Kern River I Project I Scoping Meeting,  
5 referred to here and now as Kern I.

6 I think everyone knows that I am Jess Fefer. I am  
7 the FERC Coordinator for this project and also environmental  
8 protection specialist focusing on outdoor rec and visual  
9 resources, environmental justice and land use.

10 So with me here today are four other FERC Staff  
11 and some other representatives from SCE who are the owners  
12 and applicants of the Kern I Project so I'll give a moment  
13 for them to introduce themselves.

14 SHANNON: Shannon Acholeta Fish Biologist with  
15 FERC.

16 MS. ENG: Hi, Cari Eng, Attorney for KR3.

17 MR. EMMERING: And I m Quinn Emmering, Wildlife  
18 Biologist with FERC.

19 STEVE: My name is Steve. Civil Engineer.

20 MR. BIANCHI: I'm Ed Bianchi with Stantec. We're  
21 an environmental consulting firm, helping Edison on the  
22 relicensing.

23 MR. KIMBERLINE: Dan Kimberline SCE O&M Manager.

24 MR. MOORE: Good evening, David Moore. I'm the  
25 Project Manager for Kern No. I relicensing for Southern

1 California.

2 MS. FEFER: All right. Wonderful. Thank you. So  
3 Agenda for the meeting today, actually before I get into the  
4 Agenda I should cover some housekeeping items, if you  
5 haven't signed in in the back already there's a sign-in  
6 sheet. We want to make sure to keep track of everyone that  
7 came so please make sure to sign in before you go.

8 Also, you notice we have a court reporter here  
9 who's going to transcribe the meeting so that it is reported  
10 and that will be uploaded on FERC's eLibrary within two  
11 weeks.

12 And when you do want to comment, we want to ask  
13 that you please state your name and affiliation so that the  
14 court reporter can get that accurately.

15 That said, that will not take the place of public  
16 comments. So if you make comments in here, you still want to  
17 make comments in eLibrary and we'll talk about sort of when  
18 and how you can do that from this meeting.

19 So for today, we're just going to briefly go  
20 through the licensing and scoping process. SCE will sort of  
21 share their proposal with us and then we will get into the  
22 resource issues that were identified in scoping document 1.  
23 Hear from you about those and have some comments and  
24 discussion.

25 So, I think you know who FERC is but we are all

1 with the Division of Hydro power Licensing and so you know,  
2 this is a part of the process where you will see us but  
3 there are other hydro divisions, compliance and safety that  
4 will work with the applicants after the licensing process.

5           So just to broad sort of brush-stroke overview of  
6 the process for y'all. Obviously SCE has already filed their  
7 Pre Application Document. We are now in the scoping process.  
8 In the next -- for the next you know two years or so, three  
9 years we will be going through the study phases and  
10 information gathering and consulting before SCE files their  
11 relicensing application.

12           Once we get to that point, we're in sort of the  
13 post filing and so the dates are sort of a little bit more  
14 wonky but I'm going to, just because of the timing which  
15 I'll get into a little bit in the moment but just wanted to  
16 sort of give you a broad overview of sort of the process.

17           And this is a more detailed view of the process  
18 that will give you sort of the dates or you can comment and  
19 where we'd like to hear from you all. So first of all we are  
20 currently in the scoping period.

21           So today is August 2nd an we're at the scoping  
22 meeting. And then stakeholders, you all are able to comment  
23 until September 5th related to scoping document 1, the PAD  
24 and study requests.

25           And then as needed, FERC will issue scoping

1 document 2 in response to those comments. SCE will also file  
2 the proposed study plan in response to those comments in the  
3 study request once we get into those study phases there.

4           So during the study phases you will also have two  
5 chances to comment. We will have the sort of -- the proposed  
6 study plan will be filed by SCE and you'll have a chance to  
7 comment on that and then you'll also have a chance to  
8 comment on the revised study plan before FERC issues the  
9 study plan determination and then that gives us to March  
10 15th of 24.

11           So we're getting a little bit further away here  
12 but we've got the study seasons 2024 to 2026. You'll also  
13 have a chance to comment there. So I think you see my point.  
14 You'll have many chances to comment. We'd love to here from  
15 you so you can comment twice throughout hat study season,  
16 two different seasons.

17           And then we're about to where the preliminary  
18 license proposal is filed. You'll have a chance to comment  
19 on that before the license application is filed. As I  
20 mentioned that sort of post-filing the dates are a little  
21 bit more wonky. That is because once the license application  
22 is filed, the next step is for FERC to issue the ready for  
23 environmental analysis.

24           And that, at the earliest will happen June 30,  
25 2026 but most often, we're looking for some additional

1 information so depending on the level of additional  
2 information that we need from SCE, we give 30, 60, 90, 180  
3 days to get that information and so that's why the rest of  
4 these days are sort of pushed back a little bit.

5 But this is all the earliest possible that these  
6 pieces would happen. This slide is also just to show you  
7 that you know, even post-filing while FERC is working on the  
8 Environmental analysis you will have opportunities to  
9 comment on that as well.

10 Okay, so I think most of you understand the  
11 purpose of scoping and what we're doing here but really it's  
12 a Federal requirement for one, for both FERC and NEPA but  
13 most importantly we really like to understand public  
14 perspectives and concerns about the project and need help  
15 identifying those issues, identifying reasonable  
16 alternatives, available information and those cumulatively  
17 affected resources.

18 And that gets us to SCE's proposal so let me --  
19 bear with me while I pull this up. And then the SCE will  
20 share with us what they're thinking.

21 MR. MOORE: All right. Thank you, Jess. So we've  
22 put together a short presentation to present our proposal.  
23 So if we could go ahead and go to the next slide. So Kern  
24 River No. 1 Hydroelectric Project, the FERC License, or the  
25 FERC Project Number I should say is 1930 and that's critical

1 so if you go on eLibrary and you're searching for documents  
2 associated with the project you want to make sure you put  
3 the docket number P-1930.

4 Also on the website for the Kern I relicensing we  
5 do have a link where you can sign up to get notification  
6 from elibrary as well as sign up to become part of our -- on  
7 our contact list so that when we do email distributions  
8 you're on the distribution list.

9 The current license was issued in June of 1998  
10 for a 30-year term and that current license expires on May  
11 31, 2028. Next slide.

12 The Kern I project is located on the western  
13 slope of the Sierra Nevada Mountains in Kern County. It's  
14 approximately about 15 miles east of Bakersfield and the  
15 project occupies Federal land within the Sequoia National  
16 Forest.

17 MR. KEVERLINE: Okay, looks like it's my turn. So  
18 just kind of an overview of some of the project facilities.  
19 Up there you guys will see the Democrat Dam. The project run  
20 is operated run of the river. No consumptive rights. There's  
21 small consumptive rights, but it's just a pass-through  
22 project. The dam is about 10 miles above the powerhouse.

23 Some facts and figures on it. It's 58-foot high,  
24 204 feet long and it's not a high hazard dam. So the  
25 Democrat Dam impoundment starts at the river takeout and

1 goes all the way down so that's about 27 surface acres, 247  
2 acre-feet. It does not have any usable storage for  
3 generation and it's just diverted into the intake structure  
4 and the flowline has a capacity of 412 cubic feet per  
5 second.

6           So once the water enters the conveyance system it  
7 has about 8 miles of travel down to the powerhouse. Along  
8 the way it goes through various flumes and covered conduits.  
9 You see a picture of the forebay spill chute on the far  
10 right. The penstocks are completely buried underground until  
11 they surface with the powerhouse. We don't have any photos  
12 of that.

13           Inside the powerhouse there's four generators,  
14 total capacity a little over 26 megawatts. The tailrace just  
15 upstream of the power house essentially goes from there and  
16 it goes up to the downstream powerhouse that's not Edison-  
17 owned.

18           Some other project facilities or just various  
19 roads and trails we use for maintenance. There's lots of  
20 communication of the power lines and several gauging  
21 stations in the river and in the flow line that we use to  
22 measure the water that we're diverting.

23           SPEAKER: Okay I'm going to go ahead and stand up  
24 so I can wave my hands I guess. I just want to talk a little  
25 bit about project operations. as Dan mentioned it's around

1 the river which means the majority -- the water that comes  
2 in goes out. There's a small amount of incidental  
3 consumptive use right at the powerhouse but that's a tiny  
4 little bit of water.

5 Most of the water comes in the project comes out  
6 to the tail race. There's no usable storage. So it's one of  
7 the river. It's controlled by the operations of Army Corps  
8 of Engineers at Lake Isabella and that's not a project  
9 facility. And the Kern Water Master controls the releases  
10 into the project.

11 So inflow of the project is controlled by the  
12 Kern River water master and so the amount and the timing of  
13 the diversions are a function of the amount of releases  
14 inflowing into the project.

15 The project water rights flow line capacity,  
16 powerhouse capacity as Dan mentioned, the capacity of the  
17 intakes, combined capacity is 412 CFS. And then there's  
18 minimum flow requirements which are from June 1st to  
19 September 30th. It's 50 CFS release or inflow, whichever is  
20 less. Between October 1st and May 31st, it's 15 CFS or  
21 inflow whichever is less.

22 So it does operate in terms of consistent with  
23 those water rights, releases coming into the project, what  
24 the capacity of the project is, and then they always have to  
25 meet their minimum of in-stream flow requirements.

1           Here's a little graph to just summarize the  
2 hydrology. There is section 3.3 of the pre-application  
3 document that explains or presents more details on the  
4 hydrology. But if you kind of look at it there's the blue,  
5 solid blue line. That's inflow in the project.

6           It's a 90% exceedance which means 90% of the time  
7 the flows are there or less. So were only 10% is higher than  
8 that. and then in the dotted line is below the diversion. so  
9 that basically, the differential is what water Edison is  
10 diverting into their intake. The red line is an av 50% or  
11 average flow. again the solid line is inflow into the  
12 project.

13           The dotted line is below the project and you can  
14 see the influence of the project is greater when you have  
15 lower flows in the project. I should say that most people  
16 know in the hydrology you never get average, you get drier  
17 years and you get wetter years. so averages, it's a good  
18 statistic, but you don't often see it come in nature.

19           The lower line, the lighter blue line is 10%  
20 exceedance so 10% of the time the flows are that or lower.  
21 Yes 90% of the time the flows are higher so that represents  
22 a really dry year condition and in there you can see again  
23 the flows are a lot lower coming into the project. The  
24 project obviously takes water, has a greater influence on it  
25 when you have less water coming in.

1           The only thing I'd like to point out is that  
2 there's a shift in the hydrograph with Lake Isabella and the  
3 storage associated with Lake Isabella. Typically you would  
4 get Lake runoff early in the spring, early summer.

5           You see a little shift over to the right a little  
6 bit later in the year when you get peak flows and that's  
7 just a consequence of Lake Isabella storage and releases  
8 associated with ag productions so it's really operated to  
9 provide big flows during the summertime to provide  
10 agriculture down below the project and in Bakersfield.

11           SPEAKER: Excellent. Do you want, Dan, to do the  
12 last and then I'll finish it up?

13           DAN: Sure and these are just examples of some  
14 maintenance activities that we do at the project. really the  
15 more interesting part is that we do most of the maintenance  
16 on the project ourselves with the crews that we staff so we  
17 have mechanics, machinists, electricians, operators, heavy  
18 equipment operators.

19           And we try to do most of the work in house so you  
20 know these are just small samples of those activities that  
21 they do.

22           SPEAKER: And then just to finish it off there's  
23 no proposed changes in the operation or maintenance of the  
24 project or there's relatively small changes to the  
25 maintenance activities but none of the project operations.

1 There's no new facilities proposed so there's no new  
2 construction associated with the project.

3           There's a few things that we're going to propose  
4 to change. One is the FERC project boundary. There are some  
5 project trails right now, at least we've identified them as  
6 as necessary for operation and maintenance of the project,  
7 and almost exclusively used by Edison so those are project  
8 trails that are currently not in the FERC project boundary.  
9 So we're going to add the FERC project boundary in that or  
10 add those to the FERC project boundaries so that they're  
11 incorporated under the jurisdiction of FERC.

12           We also have those already identified so our  
13 studies are already doing all the complimentary studies  
14 along those trails so we can get conditions that are  
15 appropriate associated to what a new FERC license would be.

16           The other thing, existing maintenance activities  
17 will not change with a few exceptions. One is there is a  
18 proposal right now to apply herbicides to the surface of all  
19 the project trails and that's to improve maintenance along  
20 those trails and also apply herbicide along the forest  
21 perimeter fence and within 3.5 ft outside the perimeter  
22 fence and I think that's both for control of vegetation.

23           There's also control of fire. and also in terms  
24 of worker safety and you keep the trails clear and they can  
25 see their footing and make sure they're not stepping on

1 rattlesnakes Etc. So that's the, I'll say minor changes to  
2 the project right now that Edison is proposing.

3 MS. FEFER: Thank you. Alrighty. Thank you for  
4 sharing that. any questions -- yeah I'm actually going to  
5 have you help out the court reporter and state your name  
6 please.

7 MR. DUXBURY: I'm a 16-year resident of  
8 Kernville. I'm on the board of both Kern River Boaters and  
9 we have about 1700 members, and Kern River Fly Fishers  
10 Council which is the oldest angling community based around  
11 the Kern River drainage. I have a question, is that okay?

12 SPEAKERS: Yes.

13 MR. DUXBURY: First, David, you were talking about  
14 that the water Master controls the flow. Do you have some  
15 kind of deal with the water rights holders to provide like 3  
16 to 400 during the late fall and into the -- through the  
17 winter you know to keep the turbines going?

18 MR. MOORE: We have entered into storage  
19 agreements with the water users on the dam.

20 MR. KEVERLINE: I don't know if that's where the  
21 question was going, but we do have -- so whatever the inflow  
22 at the North Fork is like later in the year when the flow is  
23 lower we match that. Usually the water master matches that  
24 and they call it power flow so that that just kind of holds  
25 the lake at one level, if that makes sense. and that's part

1 of our rights.

2 So we would say if the inflows 200 CFS we will  
3 not be taking 400. We will be at 200 instream flow. Does  
4 that make sense?

5 MR. DUXBURY:: Not that last part. Can you try  
6 that one more time? I get that there's an inflow.

7 MR. KEVERLINE: Yes, so if our, you know, we're in  
8 the month it's at 50 CFS is what we have to release for the  
9 fish flow, it'll be 200 minus the 50 is what we can divert.

10 MR. DUXBURY:: Roger that. So you don't--that's a  
11 water right? Is that what you're saying? You don't pay for  
12 water?

13 MR. MOORE: No. Well, there's some payments  
14 made, right?

15 SPEAKER: Well, there's a Headwater Bank.

16 MR. DUXBURY:: Right.

17 MR. KEVERLINE: Well, that's not, I know about  
18 that. That's not what I'm talking about.

19 And then Dave was talking about the water  
20 banking, is what we call it which is if the city wants to,  
21 the water master wants to store water for later use then  
22 they will pass an amount of lost generation for whatever  
23 they store the lake. And then they store that for another  
24 time whenever they need it.

25 MR. DUXBURY:: Thank you and then -- just one --

1 Ed, I think you've been in this game quite a while? The  
2 hydro licensing --

3 MR. BIANCHI: Since 1985.

4 MR. DUXBURY:: There you go, okay. How frequently  
5 does a project come forward with a new license application -  
6 - I'm sorry a real licensing application, and then propose  
7 zero new environmental or recreational conditions?

8 MR. BIANCHI: Going into the proceeding?

9 MR. DUXBURY:: Yes.

10 MR. BIANCHI: Quite common. It's more common than  
11 not that they go into a proceeding and what they use to  
12 describe what the existing conditions are and then they're  
13 going to do studies. And as part of their studies now  
14 they're going to go look if there's any potential impacts  
15 associated with the project and then they would look at that  
16 and work with the stakeholders to come up with modified  
17 conditions.

18 So it's quite common at least once that I've been  
19 involved in. I think this is number 19 for me, that there's  
20 not new conditions proposed right off the bat. Because  
21 there's not a basis for it and we're trying to look at the  
22 studies and seeing what's appropriate also in consultation  
23 with the stakeholders and the resource agencies.

24 MR. DUXBURY:: Can I ask FERC the same question --  
25 how often --

1           ENGINEER: it's pretty -- he's right -- it's  
2 pretty common. Because like he said we're still in the early  
3 stages, still figuring everything out, still figuring out  
4 what are the issues, what needs to be done, the studies to  
5 provide all the information on that, we'll get  
6 recommendations from various agencies and so, yeah.

7           MR. DUXBURY:: Thank you.

8           MS. FEFER: Thank you. All right. Excellent. So  
9 sort of the next piece of this will be to go through the  
10 preliminary resource issues that were identified and scoping  
11 document one.

12           Sorry this might be a little dry, I'm just going  
13 through exactly what we have in the scoping document but  
14 here is just a list of preliminary resources and now I will  
15 take a moment to go through those and see if there are any  
16 comments about those.

17           So to start geology and soils. We're looking at  
18 the effects of continued project operation on turbidity and  
19 suspended sediment flows, potential affected bank erosion  
20 within the bypass reach, affected hill slope within the  
21 bypass reach and potential effects of sediment movement on  
22 or within the project shorelines and stream banks along the  
23 Democrat impoundment.

24           Any comments or questions on that?

25           (Simultaneous discussion - audience)

1           SPEAKER: I apologize. This is going to be my  
2 longest comment. I'll try to keep it quick. I want to  
3 comment on the impacts of the project on highway 178 in  
4 particular. Between here and Isabella. You guys all drove it  
5 yesterday.

6           It's called Canyon. The project conveys about 1.5  
7 million pounds of water a minute hundreds of feet over the  
8 road, and in August 2013 conveyance and emergency spillway  
9 failed during a storm and added 17, 18 and Moore overflowed  
10 while Edison continued pumping water through, adding fuel to  
11 the fire so to speak and created a huge, two landslides all  
12 the way across 178 closing it.

13           It's the main artery between the river and the  
14 valley to the outside world, closing it for more than about  
15 2 weeks.

16 Cal-Tran sent Edison a bill for a half million dollars. You  
17 got out of that somehow. But FERC increased the project's  
18 hazard rating from low to significant, so adding two points  
19 to that to the comments so hazard ratings that are  
20 significant in FERC's parlance does not envision potential  
21 for the loss of a single life from a failure like this. And  
22 I think that's as out of touch with the reality as FERC's  
23 original judgment that this was a low hazard project.

24           Cars drive fast on 178. There's lots of them.  
25 It's only by luck that those landslides didn't kill anybody.

1 Edison admits that it didn't anticipate this kind of failure  
2 of its system and there's no reason to think that this or  
3 some similar noted failure could happen again.

4           Conveying millions of pounds of water high above  
5 the unsuspecting public on a major highway is inherently  
6 dangerous to human life. This project's hazard rating should  
7 be increased to high in the public interest.

8           My second point from this incident concerns the  
9 continued closures of the 178 from time to time in the 10  
10 years since that incident. Maybe you don't own that but we  
11 had a long closure this year because we had a wet winter.  
12 But besides that long closure, I'm not blaming you guys for  
13 it, it's in a different location. But all too frequently  
14 that road is closed for shorter periods of time for small  
15 rock slides and myself and others think most of them are  
16 near at the 17, 18 and the forebay.

17           Right in that area very frequently the Canyon  
18 gets closed for a few hours or maybe a day but is frequent  
19 and it is disturbing to us who live in that remote area. we  
20 suspect that Hillside stabilization you were ordered to  
21 undertake was not fully successful.

22           So I would ask that an independent engineer as a  
23 preliminary matter analyze Cal-Trans 178 closure and repair  
24 data just to see if there's a disproportionate amount of  
25 closures under those structures. If not, end of story but if

1 there is, reevaluate that hillside for further stabilization  
2 measures and then which obviously Edison should be directed  
3 to perform before issuing a new license.

4 MS. FEFER: All right. Any other comments or  
5 questions about geology?

6 SPEAKER: I've got a question. Why do you  
7 suspect-- And the issues --

8 SPEAKER: Just by nature you can see the damage in  
9 the road and look at the Facebook reports and it's right  
10 there. People always take pictures of the rocks, where they  
11 are, yeah.

12 ENGINEER: Okay. I figured that was the reason.

13 MR. BIANCHI: I would just like to mention that  
14 we do have a land two study, erosion and sedimentation, and  
15 one of the components of that study is to look at erosion  
16 out of the hillside so look at whether it's natural or if  
17 it's project related.

18 So we're going to go to hole sites and look at  
19 sediment input into the river and that would be 178 also. So  
20 I suggest you look at that particular study. So we're there  
21 to try to address both the historical incidents and also  
22 with the current conditions are and we'll have our  
23 engineers or water specialists take a look at -- and  
24 that's part of the study, land two.

25 MS. FEFER: Alrighty. Water Resources. We'll look

1 at the effects of continued project operation on hydrology  
2 of the lower Kern River and the project bypass reach and  
3 downstream of the powerhouse and we'll look at effects of  
4 project operation on water quality and the project bypass  
5 reach and downstream of the powerhouse.

6 Any comments or questions about water resources?

7 All right I'll move on to aquatic.

8 Looking at the effects of continued project  
9 operation on fish habitat and fish resources in the project  
10 impoundment, bypass reach, and downstream of the powerhouse.  
11 Effects of continued project operation on Western Pearl  
12 shell mussels in the project area and effects of project  
13 water diversions and in-stream flow on fish habitat in the  
14 project bypass reach.

15 Continuing on with aquatics, look at the effects  
16 of fishing treatment at Democrat Dam on fish resources in  
17 the project area and effects of Democrat Dam on upstream and  
18 downstream fish passage. Any comments or questions about  
19 aquatic resources?

20 MR. DUXBURY: Brett Duxbury again. Thank you Jess.  
21 According to the rank and file of the Kern River Fly  
22 Fisheries Club there used to be a bass fishery in the  
23 section of the river. It was awesome. Folks could pop up  
24 after work and enjoy a few hours of fishing. It seems that  
25 the sediment management plan dreamed up by Edison destroyed

1 that fishery.

2 I understand the plan was approved by all the  
3 agencies, but just like FERC's safety rating, agencies don't  
4 get things right all the time. And sometimes they make huge  
5 mistakes. We can't afford another one here. You need to make  
6 Edison haul away their sediment and not just float it  
7 downstream.

8 You need to provide radically increased minimum  
9 flows in that fishery and reestablish a viable fishery and  
10 always being skeptical of Edison's objections supposedly  
11 based on environment. They are quite adept at using those as  
12 a fig leaf To protect their take of water from the river,  
13 like they do at the hatchery up here.

14 MS. DUXBURY:: Is this on? Yes. Liz Duxbury from  
15 Kern River Boaters and I just want to follow up on the  
16 comment about the flows and the Stream.

17 In particular some of the work we looked at with  
18 the North Fork and the environmental conditions recommended  
19 by -- and how you evaluate stream flows and particularly  
20 environmental stream flows that at 15 cfs, lower MIF and  
21 even the 50 CFS just really seem like they really are not in  
22 line with any sort of environmental flow regime, so I want  
23 to make sure that that's captured in some of the studies.

24 That we're ready to look into that and look at  
25 what an environmental flow regime on this stretch would

1 really look like from, like what I said, from what we looked  
2 at before I suspect that would involve a lot higher in flows  
3 because you know these numbers are down in what CDFW terms  
4 as "severe degradation ranges", which and just looking at it  
5 from the -- you know you're driving past, 15 CFS in the  
6 river -- it barely looks like a river. It's buried under the  
7 rocks. There's nothing there. It really doesn't seem like  
8 it's going to keep fish alive, let alone any sensitive or  
9 you know endangered type fish.

10           So that's something I want to make sure that we  
11 are covering in the study and we're looking into what  
12 environmental flow ranging would look like, which has those  
13 increased base flows but then also sometimes a variability  
14 of the flows over time that more closely mimics what a  
15 natural stream looks like.

16           MS. FEFER: Just want to flip that out and leave  
17 it with the audience. Thank you. Alrighty. Any other  
18 comments about aquatic resources? All right we'll move on to  
19 terrestrial.

20           So we'll look at effects of continued operation  
21 and maintenance of the project including the use of project  
22 roads and trails that could potentially introduce and  
23 spread nonnative invasive plant species including the  
24 potential effects on invasive plants on native plant  
25 communities, special status species, and wildlife habitat.

1           We will look at effects of continued operation  
2 and maintenance of the project that could potentially  
3 promote suitable conditions for the spread of nonnative and  
4 invasive wildlife species including the American bullfrog,  
5 Asian clam, and crayfish species and their potential effects  
6 on Native aquatic and semi aquatic terrestrial wildlife.

7           Continuing on with terrestrial, we will look at  
8 the effects of timing and magnitude of flows resulting from  
9 continued operation of the project and project maintenance  
10 activities on wetlands and recreational habitat along the  
11 Kern River including the bypass reach.

12           We will look at effects of project operation  
13 including vegetation management and herbicide use on Native  
14 vegetation and Wildlife, game species, and the special  
15 status species identified in SCE's PAD including Sequoia  
16 National Forest species of conservation concern and nesting  
17 migratory bird species.

18           We'll look at effects of project facilities that  
19 present potential entrapment hazards for wildlife including  
20 open air flows. Comments or questions regarding terrestrial  
21 resources?

22           All right. briefly we'll look at threatened and  
23 endangered species so we'll look at effects of continued  
24 project operation and maintenance activities on species  
25 designated as federally threatened, endangered, proposed or

1 candidates for listing and designated critical habitat under  
2 The Endangered Species Act. And here is a list of those  
3 species which I won't read off for you, but any comments on  
4 that?

5 All right. We'll move on to recreational  
6 resources. We'll look at effects of continued project  
7 operation and maintenance on recreation resources, adequacy  
8 of existing recreation facilities to the current and future  
9 recreation demand, and the effects of project operation and  
10 maintenance on recreational white water boating use in the  
11 project bypass reach. does anyone have any comments?

12 SPEAKER: Yes.

13 MS. FEFER: Go for it.

14 MS. DUXBURY:: Okay I'm going to go first. Liz  
15 Duxbury again, Kern River boaters. The main comment there I  
16 want to make is just going through the PAD I noticed, the  
17 pull out in the back of the clause "the whole of the  
18 bypassed reach" I think "it was violent and unridable."

19 I want to just kind of contradict that because I  
20 don't think that's the case. There is some hard white water  
21 in there but you can do it right now at 4 or 5,000 CFS, but  
22 there's also that ridge bar section in the middle that is  
23 significantly lower in difficulty and is something we've run  
24 frequently over the years.

25 It is something that is runnable and I think a

1 bigger factor and a reason that there's not quite as many  
2 boaters there is really that we just don't know what is in  
3 the flow at any time. There's no way to find what the  
4 instantaneous or hourly gauge data is online like when you  
5 kind of want to check other stretches. There's a line that  
6 you can call into and might be updated if you sit there and  
7 listen to the message for a while but I think providing some  
8 gauge information would really be something that could help  
9 access to that region.

10           And the other factor that you also did not  
11 mention in that PAD is that well it doesn't seem that a lot  
12 of usage is happening because there's no manifest. And to  
13 that I just want to point out that you know permits aren't  
14 required down here on that lower section of the Kern.  
15 Manifests aren't required. There are no manifests available.  
16 There are no manifest boxes or collection sites or anything.

17  
18           And really even the permit system hasn't been  
19 enforced very much recently. I'm not sure that's a really  
20 good way to quantify the number of users using that section  
21 in any given year or anytime. I think those are things worth  
22 noting. We should get both current usage and what might come  
23 up in the future usage of that site.

24           MR. DUXBURY:: Brett Duxbury. Yes. I would just  
25 Echo what Liz was saying because those middle sections, is

1 not all hard-core white water runs in the diverted reach.  
2 There is a strictly class 3 section from Lucas Creek to New  
3 Beach which is about 3 miles long. We take classes of  
4 boaters down there all the time and right above it is sort  
5 of a four and anywhere you put on.

6 Then you get a little harder four for about a  
7 mile up right before, right after the Toilet Bowl. So there  
8 these are the names that, we did not make up these names.

9 [Laughter]

10 Anyway, we have a video of these sections that we  
11 will submit later in the process. But I would just like to  
12 express something that's really frustrating about it. It's  
13 2023, flow information for every other segment of that river  
14 is available online, even at the current Canyon project and  
15 it took a complaint of mine to get that about different  
16 information, the Canyon information just to get them to put  
17 the flow gauges online at Clearview Dam, which has been  
18 incredibly helpful for our community.

19 And instead of going online I have to sit through  
20 a 3 minute phone message that is barely intelligible. have  
21 you guys ever called that thing? You got to try it.

22 760-537-6356. It is hard -- it is hard to hear what the  
23 message is saying and you have to wait 3 minutes to find out  
24 what the flow below Democrat is.

25 Again it's frustrating that SCE never gives more than its

1 license demands.

2           And so we need instantaneous online flow  
3 information below Democrat Dam to safely and actually use it  
4 more. Because that is a big impediment. So yes provide that  
5 and --

6           MR. BIANCHI: And if I could just point out, is  
7 in the draft study plans that were part of the PAD there is  
8 a Rec 3 boating study where we do the three phases of it and  
9 we have consultations so take a look at that and make sure  
10 that it addresses your concern but we are doing that, a full  
11 whitewater boating study in terms of starting out with  
12 recognizance and discussions with the Whitewater Community,  
13 boating community so.

14           MS. FEFER: All right any other comments or  
15 questions? Okay moving on to land use and aesthetics.  
16 We're looking at the effects of continued project operation  
17 and maintenance on land use and the effects of continued  
18 land use and Effects of continued operation and maintenance  
19 on the acetic quality of the project area. Any comments?

20           SPEAKER: All right for people who have driven  
21 the canyon which you all have done recently. You know the  
22 lower Kern is incredible to look at when there's a lot of  
23 flow but that hasn't been the case in the drier years or  
24 frankly at any time when this project is running close to  
25 fish flow which is a paltry 15 CFS flows at a time, well the

1 project is taking 400.

2           When it's down near fish flow you see stagnant  
3 pools, lots of algae in the stagnant pools, and where there  
4 is living water it's narrow, slotted, and it's obscured  
5 through a bunch of Road blast in there unfortunately. There  
6 was a Facebook video last year of this helicopter flying  
7 over the diverted area and you can barely make out any  
8 patches of water. It looked more like a rock quarry than a  
9 river.

10           According to Cal-Trans 2 to 3 million people  
11 drive that canyon in one way each year. Those people deserve  
12 something better to look at than a dead river.

13           And so I asked that you carefully study the  
14 Aesthetics. not with easily manipulated survey data but with  
15 a science-based controlled closed study and then radically  
16 raise minimum flows accordingly to keep this looking like a  
17 healthy river all year long. raising those flows would also  
18 improve water quality of the fishery, preparation, etc.

19           These are issues that all get divided up, but  
20 take a holistic look, increase those flows, it would help a  
21 lot of things. Thank you.

22           MS. FEFER: Any other comments or questions? All  
23 right. Cultural and tribal resources. Will look at effects  
24 of continued operation and maintenance on historic and  
25 archaeological resources and traditional cultural properties

1 that may be eligible for inclusion in the National register  
2 for historic places or in other areas or places of  
3 religious, cultural, and traditional importance to Indian  
4 tribes. Any comments or questions?

5           Okay. Socioeconomics. We will look at effects of  
6 continued project operation and flow diversions on  
7 agricultural and other consumptive uses in the North Fork  
8 Kern River watershed, effects of any reduction in the amount  
9 of water available for irrigation on agricultural production  
10 in Kern County and effects of any reduction in the amount of  
11 water available for future water supply deliveries to the  
12 city of Bakersfield.

13           Any comments about socioeconomic resources?

14           Environmental justice. We'll look at effects of  
15 project operation and maintenance in identified  
16 environmental justice communities.

17           SPEAKER: As a preliminary matter from FERC, I  
18 thought you were supposed to analyze for economic justice  
19 communities as well? Is that not the case?

20           MS. FEFER: I think that plays into socioeconomic  
21 and environmental justice so that the data that we use does  
22 get into the economics to study environmental justice.

23           SPEAKER: Thank you. Well this comment would have  
24 played but you'll probably find during this proceeding that  
25 the day users of the dewatered stretch of river

1 disproportionately come from communities suffering  
2 economically and environmentally. There are limited  
3 opportunities for quality outdoor recreation around here at  
4 the prices of visiting this river, which is about 10 dollars  
5 for a family, I believe currently and the river offers  
6 improved air quality as Bakersfield has horrific air quality  
7 and it offers them an opportunity for them to get away from  
8 the dessert littered with industry and surrounded by Big  
9 Agriculture to a nicer setting if there's adequate water.

10           It falls at the project's effects on river,  
11 aesthetics, water quality and the fishery,  
12 disproportionately falls on these affected communities and  
13 you should strive for a more, a radically more equitable  
14 distribution -- I'm sorry. A radically more equitable  
15 balance on the use of flows between the public and the  
16 powerhouse.

17           Heck, make a mistake on the public side for once,  
18 instead of Edison's side. That's for the agency. Thank you.

19           MS. FEFER: Any other comments on environmental  
20 justice? Okay. And as promised I said I would talk about  
21 cumulative effects as well.

22           So just to go over that a cumulative effect is  
23 the impact on the environment that results from the  
24 incremental impact of the action when added to other past,  
25 present foreseeable actions. So just to clarify that and

1 we've identified water and aquatic resources that could be  
2 cumulatively affected by the continued operation and  
3 maintenance of the Kern 1 project. Any comments about  
4 those? All right. So that was sort of our preliminary  
5 identification of resource issues in SD1 and now I'm sort of  
6 getting into the scoping and what we're sort of requesting  
7 from you all as the stakeholders here and you know, in  
8 Section 7 of scoping document 1 includes a list of the  
9 comprehensive plans on file with the Commission that are  
10 relevant to the Kern I Project.

11 As part of the scoping, we request that agencies  
12 review the list and file a new or updated comprehensive  
13 plans using instructions that are provided in SD1.

14 We also ask that any entity that wishes to be  
15 added to the official mailing list do so by following  
16 instructions I think it's in section 8 of SD1 and then also  
17 we're looking for significant environmental issues that  
18 should be addressed in the EA.

19 And sort of the way to get that is yes, comments  
20 today, that's excellent but also to comment on FERC online  
21 and you know, this is probably too far away for you to  
22 actually use the QR code but we do have a printout in the  
23 back so you can easily access that as needed.

24 So we really just want to encourage you to stay  
25 involved in the relicensing process by submitting electronic

1 comments in his way. So we do have, like I said, brochures  
2 and information about how to do that in the back.

3 The scoping comments sort of for SD1 for the  
4 study requests are going to be due on September 5th of this  
5 year. So we're still soliciting those comments so you still  
6 have time.

7 And then just to get into the comment periods  
8 afterwards for the proposed study plan. So the proposed  
9 study plan is due on October 17th and then stakeholders are  
10 able to comment, request or modify proposed studies, that  
11 will be due on January 15th. Before that there will be a  
12 public meeting, I think we landed on preliminarily it's in  
13 Mid-November, scheduled for mid-November right now if that's  
14 incorrect, stop me.

15 SPEAKER: That's correct.

16 MS. FEFER: All right. So you'll have a chance for  
17 a public meeting before that first comment period. And then  
18 SCE will submit a revised study plan and you'll have a  
19 chance to comment on that before FERC files or issues a  
20 study-plan determination on March 15, 2024 and as I  
21 mentioned, you know part of that scoping process we're  
22 looking for study requests, right.

23 So exactly what are we looking for there? Some of  
24 this is really straightforward but some of this is you know,  
25 people often miss so we just kind of want to make sure it's

1 clear. Of course, describe the goals and objective of each  
2 study proposal and information to be obtained if applicable.

3

4 Explain the relevant management goals of the  
5 agencies or Indian tribes with jurisdiction over the  
6 resource to be studied.

7 If the requestor is not a resource agency,  
8 explain any relevant public interest considerations in  
9 regard to the proposed study. And then describe -- this  
10 one's pretty important. People sometimes miss this. Describe  
11 existing information concerning the subject of the study  
12 proposal and the need for additional information. So we're  
13 looking for you to identify those gaps. You know why do we  
14 need this additional study or modification to a study in  
15 order to get the information that you're looking for?

16 Additionally, we ask you to explain any nexus  
17 between project operation and effects on the resource to be  
18 studied and how the study results would inform the  
19 development of the license requirements.

20 Again, one that can be missed sometimes is really  
21 explaining any proposed study methodology. So this includes  
22 any preferred data collection analysis techniques or  
23 objectively quantified information and a schedule, including  
24 appropriate field seasons and we just need to make sure this  
25 is consistent with generally accepted scientific practices.

1 So that's an important piece to try not to miss.

2           And then lastly another important piece to make  
3 sure not to miss is to describe consideration for the level  
4 of effort and the cost for the study and the data  
5 collection, okay.

6           And you can also, we have this information  
7 publicly as well. And that is all we have for the  
8 presentation so I can really open it up for questions and  
9 any additional comments at this time.

10           SPEAKER: No.

11           MS. FEFER: All right. That does it, then. Thank  
12 you so much for being here.

13           [Thereupon, at 6:52 p.m., the scoping meeting  
14 concluded.]

15

16

17

18

19

20

21

22

23

24

25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

CERTIFICATE OF OFFICIAL REPORTER

This is to certify that the attached proceeding  
before the FEDERAL ENERGY REGULATORY COMMISSION in the  
Matter of:

Name of Proceeding:

Southern California Edison Company

Project No. 1930-090

Place: Bakersfield, California

Date: Wednesday, August 2, 2023

was held as herein appears, and that this is the original  
transcript thereof for the file of the Federal Energy  
Regulatory Commission, and is a full correct transcription  
of the proceedings.

Dan Hawkins

Official Reporter